



STATE OF DELAWARE  
**DEPARTMENT OF TRANSPORTATION**  
800 BAY ROAD  
P.O. Box 778  
DOVER, DELAWARE 19903

CAROLANN WICKS, P.E.  
SECRETARY

(302) 760-2030  
FAX (302) 739-2254

March 10, 2008

Interested Design Builders:

**RE:** Contract No. 26-073-03 Readvertised  
Federal Aid Project No. BRN-S050(14)  
Bridge 3-156 on SR-1 over Indian River Inlet  
Sussex County

Attached is Addendum No. 1 to the RFP for the referenced contract consisting of the following:

1. Seventy Six (76) pages, Transcript of the Pre-Proposal Meeting, pages 1 through 76, new, to be added to the Request For Proposal.
2. One (1) page, Errata - Corrections to the Transcript of the Pre-proposal Meeting, new, to be added to the Request For Proposal.

Please note the revisions listed above and submit your Proposal based upon this information.

Very truly yours,

A handwritten signature in black ink, appearing to read "John V. Eustis, Jr." with a stylized flourish at the end.

John V. Eustis, Jr.  
Contract Services Project Manager

:jve, jr.  
attach.

THE STATE OF DELAWARE  
DEPARTMENT OF TRANSPORTATION

---

RE: Design-Build Project  
for Indian River Inlet Bridge

Replacement of Bridge 3-156,  
SR1 over Indian River Inlet  
State Contract #26-073-03 Readvertised  
Federal Contract #BRN-S050(14)

---

February 27, 2008 at 10:00 a.m.

Pre-Proposal Meeting

---

DELDOT ATTENDEES:

John Eustis  
Douglass A. Robb, P.E.  
Natalie Barnhart  
Dave Duke  
Dennis O'Shea

---

A Pre-Proposal Meeting held on  
Wednesday, February 27, 2008 at 10:00 a.m. at the  
Deldot Field Office, Indian River Inlet Road,  
Rehoboth Beach, Delaware, reported by Lorena J.  
Hartnett, a Registered Professional Reporter and  
Notary Public.

---

WILCOX & FETZER  
1330 King Street - Wilmington, DE 19801  
(302) 655-0477  
www.wilfet.com

1           MR. EUSTIS: Good morning, folks. This is a  
2 good turnout. I appreciate you all coming to our  
3 site here. My name is John Eustis. I am contract  
4 services project manager which, if you take it, if  
5 you break it down into its smallest pieces, actually  
6 it doesn't mean anything.

7           I am actually retired from DelDOT and I have  
8 come back part time in order to be your nemesis.

9           This is a pre-proposal meeting for Contract  
10 26-073-03, Re-advertised, Replacement of Bridge 3-156  
11 SR1 over Indian River Inlet.

12           I have a few things that I want to go over.  
13 I won't speak for too terribly long, because I don't  
14 really have that much to say. It's more important  
15 for you at this point to hear from Doug and from any  
16 of the other folks he needs to introduce.

17           There are a couple of things about the way I  
18 do meetings. One is the first thing we do is we  
19 either turn off or put cell phones on vibrate. Now,  
20 you can answer your cell phone during the meeting if  
21 you like, but if, and only if, your wife is going to  
22 be in labor or you have a close relative in surgery.

23           And, if you do have to answer the phone, pick  
24 it up, leave the room, talk outside of the room so we

1 don't distract any other people. I have heard that  
2 that's not a very welcoming statement but, then  
3 again, you are here for a purpose, and this is pretty  
4 important to us and we are hoping it's important to  
5 you also.

6 As any of us go along, if you have questions,  
7 I would encourage you to ask your questions when you  
8 think of it. That way, we get all the questions out.  
9 If something pops into your mind that doesn't make  
10 sense, get your hand up and let's talk about it.

11 To that end, we have this meeting is being  
12 transcribed, and only one person can speak at a  
13 time, and you are required to state your name and who  
14 you represent. Okay?

15 Once I get this transcript back, there will  
16 be at least one addendum on this project, one to fix  
17 a couple mistakes that I made and some of my spelling  
18 errors, and to issue the transcript.

19 Right now, I have passed out a booklet that  
20 has two sets of CDs. There are four CDs in each set,  
21 two sets to each team. Does anybody need an  
22 additional set? Okay. When we are done, I will give  
23 you an additional set.

24 Now, sometime late tomorrow or early Friday

1 what is on those CDs will be on the website. What's  
2 on the website is I have been putting things up as  
3 they get developed, and I probably had six, eight,  
4 ten changes yesterday before I made all the rest of  
5 the CDs, so, if you have people that need to get this  
6 information, what's on the CDs will be up sometime  
7 tomorrow. Maybe not all the reference documents, but  
8 all of the RFP documents will, indeed, be up sometime  
9 tomorrow.

10 Some of the reference documents are already  
11 up there, and I think I have sent links to those for  
12 all of you to review what was in the reference  
13 documents first time around. There are some  
14 additional reference documents.

15 One of the things that you have on one of the  
16 CDs that is not on the web and won't be on the web  
17 are aerial photos of the bridge, the prior to any  
18 embankment, and there are some aerial photos there,  
19 about 75 of them, of, you know, the bridge with the  
20 embankments from different angles, some in focus,  
21 some not in focus.

22 I didn't put up the aerial photos that I  
23 found that are of Salt Pond, which is the next golf  
24 course down. Somebody got, you know, happy with

1 taking pictures, and they took a couple of really  
2 nice pictures of that course.

3 Can you put the schedule up, which would be  
4 this one right here? (Speaking to Mr. Robb)

5 MR. ROBB: This one?

6 MR. EUSTIS: That one, yep. This is the  
7 schedule. It is February 27. Oddly enough, we are  
8 having the pre-proposal meeting at the date we  
9 decided. I have issued you the RFPs.

10 Concept plan presentations will be the week  
11 of March 25th. I will be sending you a schedule for  
12 that next week. You don't have to submit anything  
13 for the concept plans. You have to show up, make a  
14 presentation, and we will talk about that, and any  
15 comments we have on the concept plans will be made  
16 back in writing.

17 As far as this RFP is concerned, the last day  
18 to submit technical questions is April 24th. That  
19 only gives us four days to issue any addenda that  
20 come as a result of any of those questions.

21 Questions on this: There is a form in the  
22 RFP, it's called a CF, I think it is, comment form.  
23 Use that form. In the part one, ITP files, I have  
24 included Word versions of all of the documents, of

1 all of the forms that have to be submitted, and  
2 that's one of those.

3 Questions have to be in writing. I prefer  
4 that you e-mail them to me. All that contact  
5 information is in there, and I think pretty much  
6 everybody has e-mailed me and I have e-mailed  
7 everybody back.

8 You have a single point of contact on the  
9 Department's side, and you have a single point of  
10 contact on your side. E-mails come from that point  
11 of contact. E-mails go back to that point of  
12 contact.

13 Questions that are specific in nature to your  
14 design will be responded to solely to you. Questions  
15 that are about the RFP discrepancies, ambiguities,  
16 unclarities, those things that require a change in  
17 the RFP, will be responded to via addendum with the  
18 questions and answers.

19 So, now, when you send those things in, if  
20 you want to send them in as Word documents, I would  
21 appreciate it. If you want to send them in as PDFs,  
22 that's fine too. When I forward the questions on to  
23 the technical staff, the name of the firm is  
24 redacted, so I am the only one that knows where the

1 questions come from.

2 And when I respond, it's pretty much my  
3 decision whether they go out as an addendum or back  
4 to the individual person. I think, while a lot of  
5 you folks have never dealt with me before, I am  
6 pretty good at this. I have been doing it for a long  
7 time. I think I've established a level of trust with  
8 the folks that I have dealt with in the past. I can  
9 be impeached, just like anybody else, but I do the  
10 best I can.

11 The team that will be reviewing your  
12 proposals will have signed confidentiality  
13 agreements. Anybody that's involved in this process,  
14 review process, will have signed confidentiality  
15 agreements. I would suggest to you that that process  
16 works very well.

17 You can tell people to keep things  
18 confidential, but once they sign their name to a  
19 document saying that they are going to keep it  
20 confidential, it moves right up to the front of the  
21 brain and it's there all the time. It works pretty  
22 well.

23 So, back to the schedule: You get your  
24 questions in by the 24th. That gives us until the

1 28th to issue addendum. Your final technical  
2 proposals will be due on May 8th. I will be  
3 scheduling presentations for the following week. The  
4 way I do the schedule for presentations, and the same  
5 is true with concept plans and final technical  
6 proposals, only one group will be on a day. There  
7 will be no overlap of groups coming and going. You  
8 won't see each other in the hall. You won't see each  
9 other in the green room, for lack of a better term.  
10 You will be presenting on different days.

11 That makes sure that if anybody leaves  
12 anything laying around that shouldn't be, I get the  
13 chance to collect it.

14 Now, both of these presentations, I will be  
15 providing a room that has a projector and it would be  
16 good if you brought a laptop. We have overhead  
17 projectors. We have a sound system if you need it.  
18 Anything else that you need, let me know. It already  
19 has screens and all the other stuff.

20 After the presentations, the final cost  
21 proposal will be due on May 29th. That is a public  
22 opening, and what we will do is the same thing I  
23 attempted to do last time but failed to successfully  
24 do, is once I open a proposal, the final proposal,

1 the final score will be calculated at that time and  
2 it will be on a screen behind me in the bid opening.  
3 The bid opening will be in the Bidder's Room at the  
4 Transportation Administration Center.

5 The notice to the successful apparent  
6 proposer will be on June 6th, and that notification  
7 will also be the notification to tell you to get your  
8 DBE compliance subcontracts in to us, and you have  
9 ten days to do that.

10 I should have already had any protests by  
11 that time. And I am hoping that we are all adult  
12 enough here not to go into this process. You give it  
13 your best shot. You will get a fair hearing from  
14 this Department.

15 If you object to where you place, raise those  
16 objections. If you have a good reason, fine. But if  
17 you read the section on protests, any protest that  
18 you make has to be legally based, has to be based on  
19 either the Department's authority to make the award,  
20 to enter into this process, or some other legal basis  
21 that you can think of.

22 Submittal of the DBE subcontracts ten days  
23 later. Award no later than June 27th, based on this.  
24 And, actually, we have 30 days to award, but we are

1       only taking 29 because the thirtieth day winds up on  
2       a weekend.

3               Our intent is to issue notice to proceed  
4       prior to August 4th, and our intent is to have work  
5       begin on or about August 18th.

6               Any questions about that? Any heartburn with  
7       any of it?

8               Okay. Can you put this up? (Speaking to Mr.  
9       Robb)

10              Prevailing wage rates: There are two sets of  
11       prevailing wage rates in this Appendix A to DB  
12       Section 102. This is the State prevailing wage rate  
13       that is in effect at the moment.

14              The problem we run into with the State  
15       prevailing wages is they come out with new wages  
16       every March 15th, so in two and a half weeks I will  
17       have a new set of wages. As soon as I get them, they  
18       will also be part of the addendum.

19              Can you go down to the next page? No, keep  
20       going. Yep, okay, go back up a page.

21              These are the federal wage rates for heavy  
22       construction. The last publication was in September.  
23       I left draft on here in the event that the feds  
24       actually changed, the Department of Labor changes

1 these wage rates. If they change before the end of  
2 April or thereabouts, I will be issuing new wage  
3 rates.

4 Now, the complication, for those of you that  
5 have not done work in Delaware, is, "Which one do I  
6 use?" Well, our wage rates are in effect. The  
7 federal wage rates are in effect. You have to use  
8 the worst case of either. You have to use the higher  
9 wage rate for any labor category. You have to use  
10 the higher of the two. Okay? I know that's  
11 probably -- That may not be what you are accustomed  
12 to elsewhere, but that's kind of the way it works  
13 here.

14 Now, go back to this one. I will do this,  
15 since -- (taking over keyboard) Alright, there we go.  
16 The ITP that you folks have seen on the web, like I  
17 said, there have been changes made.

18 This is probably the most significant change.  
19 Minimum Project Completion Milestone and Schedule  
20 Requirements. This has been added. It's in the  
21 proposal now in two ways. One is a pass/fail. The  
22 other is there still is a quantitative score for  
23 quality of schedule.

24 In order to be considered responsive, there

1 are a couple of things that need to be in your  
2 schedule. One, the bridge available to traffic no  
3 later than December 31, 2011; substantial completion  
4 three months later; address key milestone and  
5 substantial completion dates; specify durations of  
6 work for each activity; define the critical path;  
7 have a complete schedule of values for payment that  
8 is consistent with the scheduled work activities.

9 Now, in Appendix D to this are the example  
10 score sheets, and you will see that there is a scale  
11 on which you can gain points for your schedule by  
12 being in front of this December 31st date for open to  
13 traffic.

14 The minimum score for -- Well, the minimum  
15 score is zero, but you gotta go, to my mind, you  
16 gotta go a great length to screw that up.

17 The minimum score with a bridge available to  
18 traffic on December 31st is 10 percent. It goes up  
19 from there in monthly increments, so you have some  
20 incentive to complete sooner.

21 The other issue is, and probably the simpler  
22 issue is now the quality of the schedule means  
23 something in your technical score, whereas before,  
24 the way it was set up, if you said December 31st,

1           theoretically that's 100 percent.

2                       We will be reviewing the schedules when we  
3 get them. We have a certified person to do that.  
4 Other than that, there isn't anything any different  
5 in here than what you have seen on the web, if you  
6 have looked at this on the web.

7                       That's the only change to that document, and  
8 the example score sheets will be out there tomorrow.  
9 They are on your CDs.

10                      So, with that, any questions? Everyone  
11 signed in?

12                      I said this the last time, and it turned out  
13 I was wrong. We cannot afford to fail. We cannot  
14 afford to fail to get this bridge built. We cannot  
15 afford to fail to have three high technical scored  
16 proposals.

17                      This is going to be a -- I don't think this  
18 is a tough project for the kind of work you folks  
19 normally do, but, while we have to consider price and  
20 that was a legislative mandate, I would prefer not  
21 to. I want you guys to compete on score, technical  
22 score. I want the best bridge that we can possibly  
23 get for the money that we have available.

24                      I hope that makes sense, and I hope that's

1 the direction we are going. And I think that that  
2 probably is quite the direction we will be going in,  
3 because, I will tell you what, this is, for this tiny  
4 little state and this tiny little island that, you  
5 know, in 100 years ain't gonna be here, the  
6 beachfront is going to be down in Millsboro, but the  
7 fact of the matter is, this is a great group of  
8 contractors and I am looking for great things from  
9 you. Doug?

10 MR. ROBB: Okay. Thanks, John. Good  
11 morning, everybody. We appreciate you coming out  
12 once again, for several of you, at least. My name is  
13 Doug Robb. I am going to be the project manager for  
14 Indian River Design Build contract.

15 And what I wanted to do is a couple things.  
16 I want to primarily familiarize you with the  
17 documents that have been distributed to everybody on  
18 CD. Hopefully, it will save you some time, energy  
19 and effort in focusing on what's where. It's a lot  
20 of information. Some may be more useful to certain  
21 people on your team than others. And, if we can  
22 maybe save you some effort in getting you directed in  
23 the proper locations to find what your different  
24 people are looking for, I am going to try to help

1 with that.

2 Secondly, I want to make sure we help you  
3 understand some of our criteria for the project and  
4 how it's going to be different than some of what's  
5 been out there before, for those of you that went  
6 through the process with us last time, and those of  
7 you that are new probably are familiar, at least,  
8 with some of the requirements we had last time.

9 I think the biggest message we need to make  
10 you aware of is what you see out there today is not  
11 going to be what's there when you come out to start  
12 work. I think we indicated that at our informational  
13 meeting last fall. We will talk more about that as  
14 we progress this morning.

15 Just about our format and structure a little  
16 bit this morning. I am going to talk for awhile  
17 about the scope of services package. I am going to  
18 turn it over to Dave Duke, who is our project  
19 resident right now for the roadway contract that's  
20 been ongoing for the last couple of years down here,  
21 and he is going to talk about some of the work  
22 activities that have been associated with the roadway  
23 contract that are probably of some interest to you,  
24 and then he will also talk about our upcoming

1 contract, which is the embankment removal contract,  
2 where we are going to be taking out approximately 600  
3 linear feet of embankment from each approach, and  
4 hopefully you will be able to visualize a little  
5 better what things are going to look like by the time  
6 you actually start work.

7 And then we also have Rod Hill here from  
8 Whitman Requardt who is going to chime in with part  
9 of my presentation and help understand some of the  
10 roadway geometrics that we have established for this  
11 contract that are different than what we had before,  
12 and we will get into the reasons for that, and  
13 hopefully it all makes sense when we are done.

14 After we go through the presentations, if the  
15 weather holds out for us, we are going to try to take  
16 a little stroll down towards the Inlet and give  
17 everybody an opportunity to maybe ask some questions  
18 about what we have talked about in here, then  
19 reconvene back in the conference room here for any  
20 wrap-up and follow-up discussion.

21 MR. EUSTIS: And the questions that come to  
22 your mind out there need to be put on record, so you  
23 can ask them out there, but the answer is going to be  
24 either as part of an addendum or will be part of what

1 we do on record after we come back after the walk  
2 around.

3 MR. ROBB: Okay, so with that, we will go  
4 ahead and get started.

5 Like I said, the scope of services package, I  
6 think what we have done this time, it's all  
7 electronic. I think there is a table of contents  
8 included with each package.

9 But there is primarily three different  
10 sections, I will call them, to the scope of services  
11 package.

12 The first one is the instructions to  
13 proposers, and that's primarily what John was  
14 discussing. It's what we were referring to as the  
15 ITP, and that's laying out the ground rules and the  
16 process for the actual procurement, the scoring  
17 criteria, the score sheets, the communication  
18 protocols --

19 MR. EUSTIS: Can you come around here so they  
20 can hear you?

21 VOICE: I am fine.

22 MR. ROBB: Okay. The instructions to  
23 proposers, that's the first section, and that is not  
24 going to be part of the contract once we get awarded.

1 That's strictly, like I said, the ground rules for  
2 the procurement.

3 Then we have the contract documents has eight  
4 parts, and then we have reference documents for your  
5 benefit. We will talk about those in more detail.

6 As John mentioned, instructions to proposers  
7 has several different appendices that include the  
8 technical proposal instructions, gives you all the  
9 requirements that need to go into your actual  
10 proposal that you will be submitting.

11 We will talk a little more in detail about  
12 the concept presentation that John mentioned,  
13 as well as the final presentation and your written  
14 proposal.

15 Then there is price proposal instructions, a  
16 whole series of proposal forms, the score sheets that  
17 the selection committee will be using for scoring the  
18 proposals, and then a series of abbreviations and  
19 definitions.

20 Like I mentioned, this section of the scope  
21 of services package just lays the ground rules for  
22 the procurement process. Once we get through that,  
23 it will be as though it never existed.

24 The next section is the contract documents,

1 and this will become the contract upon award, and it  
2 has eight different parts. I am going to walk  
3 through real briefly each of the different parts so  
4 you can understand what is in the contract documents,  
5 and this will be the bulk of the information that is  
6 on your CDs.

7 Just for reference, I think the last time,  
8 this is the contract documents part one through seven  
9 printed, double sided. Is that double sided? Yep,  
10 double sided, so to give you an idea what's in the  
11 contract documents.

12 Part one is where we have overview of the  
13 project scope. Part one also includes the actual  
14 agreement. It will be part of the contract. A few  
15 things that I just wanted to highlight with regards  
16 to the project scope are some of the geometrics.

17 And this first one is the biggest change from  
18 what we were looking to do before. Our overall  
19 bridge length now is going to be 2,600 feet. I think  
20 the last, if you go out there now from end of  
21 embankment to end of embankment, is approximately  
22 1,400 feet, just under 1,400 feet.

23 With the issues that we had with our approach  
24 embankments, we are going to be removing embankment

1 and lengthening the structure and hopefully  
2 alleviating all of our geotechnical problems that we  
3 have been having.

4 Our minimal main span under clearance: The  
5 main span is going to be a 900-foot horizontal under  
6 clearance and a 30-foot vertical as a minimum through  
7 that 900 feet.

8 And this 900 foot, just to be clear, is not  
9 just above ground. It also extends below ground. If  
10 your foundations for your primary piers have battered  
11 piles in them, they need to be outside of that  
12 900-foot clearance, and this is to allow us the  
13 opportunity with the Corps of Engineers to widen the  
14 Inlet in the future, if need be, without impacting  
15 the structure or limiting that widening.

16 Over the water, itself, there is a 200-foot  
17 horizontal clearance envelope with an increased  
18 vertical clearance of 45 feet above the mean high  
19 water, so over the Inlet, itself, the under clearance  
20 will be 45 feet.

21 And as we get towards the end of the bridge,  
22 this longer 2,600-foot bridge, we are going to be  
23 approaching grade. Our low chord elevation towards  
24 the ends of the bridge needs to be at Elevation 11 as

1 a minimum, and this is to keep the low chord a  
2 minimum of one foot above our, I think our 500-year  
3 storm surge predictions, so that's an additional  
4 criteria that didn't apply before.

5 Our typical section: We are going to have  
6 two 12-foot travel lanes, both northbound and  
7 southbound. We are going to have a 4-foot inside  
8 shoulder in each direction, 10-foot outside  
9 shoulders.

10 There will be a dedicated walkway, multi-use  
11 walkway on the ocean side, and that's a 12-foot  
12 walkway that will be separated by barrier.

13 And then we also, on the south end, there  
14 will be a 12-foot acceleration lane on the structure.  
15 Before, this would have been handled on the roadway  
16 approach, but, with the lengthening of the structure,  
17 it's going to fall on structure now. And that's  
18 northbound only on the south approach.

19 Above the deck we also have some clearance  
20 requirements. Over traffic we need to maintain a  
21 minimum of 20 feet vertical, and that vertical  
22 envelope will extend a minimum of 2'6" behind the  
23 barriers adjacent to traffic.

24 In addition to that, that dedicated walkway I

1 talked about, we are going to have a 16'6" clearance  
2 envelope over the walkway, and that also has to  
3 extend a minimum of 2'6" beyond the barriers for the  
4 walkway. And this is all illustrated in some plans  
5 that will be shown later.

6 Some other requirements: We have a minimum  
7 100-year design life requirement. No temporary  
8 structures are going to be permitted within the  
9 waters of the Inlet. We do not want to create an  
10 additional scour problem by introducing additional  
11 obstructions into the water, so if you are  
12 contemplating that, stop now. It's not going to  
13 happen.

14 Sand bypass system: Right now the existing  
15 bridge carries a sand bypass system that the Corps of  
16 Engineers and DNREC operates, pumping sand from the  
17 south side of the Inlet to the north side of the  
18 Inlet, and it carries over the ocean side of existing  
19 bridge. Our new bridge is going to need to carry a  
20 replacement sand bypass system.

21 One of the requirements that is not in the  
22 RFP or the scope of services package yet is the  
23 specific requirements for the sand bypass system.  
24 That will probably be in the first, hopefully the

1 first addendum within the next week or two.

2 Just to give you an idea of what to expect,  
3 the sand bypass system, you will be responsible for  
4 designing and constructing the actual system over the  
5 main span, and our intention is to basically have  
6 that installed over the main span, carry down to your  
7 piers just outside that 900-foot clearance envelope,  
8 and then subbed out for future connection below  
9 grade.

10 So those will be the anticipated limits for  
11 the sand bypass system. There will be more details  
12 on type, sizes, materials, and so forth, but that  
13 will be part of the contract.

14 Also, some other utility type items: Bridge  
15 lighting, conduit associated with bridge lighting.  
16 DelDOT has an ITMS system that will be required to be  
17 installed.

18 We are going to have some monitoring  
19 instrumentation as part of the University of Delaware  
20 research effort.

21 We do have requirements for design builders'  
22 cooperation in determining what type of  
23 instrumentation may be best suited for the type of  
24 bridge that you ultimately select or propose, and I

1 will talk about that a little bit more in detail  
2 later. Then any mechanical systems that you may end  
3 up with based on your design.

4 You will also be required to design and  
5 construct scour protection systems for your  
6 foundations.

7 One thing I wanted to highlight is there are  
8 requirements for you to perform an actual coastal  
9 storm surge analysis to determine what appropriate  
10 flood elevations and velocities to use with a scour  
11 evaluation.

12 During the original design, there were some  
13 studies performed that gave us a basis for what the  
14 anticipated scour was for the type of foundations  
15 being used. What we have done is established in the  
16 scope of services package minimum criteria that you  
17 need to assume scour depths for your foundations.

18 There is no way you will be able to go to the  
19 level of effort through the proposal stage to  
20 accurately determine what those scour elevations are  
21 going to be for your proposal, so what we have done  
22 is given you a number to assume, 30, 35 feet. And,  
23 once we go through this effort through the design  
24 phase of the project, if those scour depths change,

1 we will treat it as a change order. If they go up,  
2 if they go down, we will discuss it at that time  
3 what's appropriate, but there is a fixed depth that  
4 you should be assuming in your designs.

5 The structure shall not have exposed  
6 structural steel. Hopefully, that's pretty self  
7 explanatory. It means no steel piles above grade, no  
8 steel caissons above grade, no steel beams. None of  
9 the primary elements can be steel. Steel is  
10 permitted if it's encased. If it's enclosed in  
11 concrete, that is acceptable.

12 MR. ZOLI: Could you clarify the scour,  
13 because that's a little confusing to me? You are  
14 giving us a scour depth to assume but then requiring  
15 us to provide scour protection. What does that mean?

16 MR. EUSTIS: Who was that?

17 MR. ZOLI: Ted Zoli with HNTB. Sorry.

18 MR. ROBB: If my memory serves me correctly,  
19 the scour protection is required at abutment  
20 locations. Are we requiring it at the -- Dennis, do  
21 you recall? Is it at the pier locations, as well?

22 MR. O'SHEA: I'm not sure.

23 MR. ROBB: I can't remember right now. We  
24 will get you a formal response on that. I can't

1 recall off the top of my head where it's required.

2 MR. ZOLI: But one is assuming a scour depth,  
3 and I presume that assumes no scour protection is  
4 established at that depth, and the question is how do  
5 you -- Are you providing scour protection at that, to  
6 that depth, or are you providing scour protection at  
7 the surface which protects against scour?

8 MR. ROBB: I believe we all have a redundant  
9 approach where we are assuming your scour protection  
10 system may fail and that you still must design to the  
11 scour depth, but I just -- I want to confirm that. I  
12 don't recall which foundation elements that that may  
13 be for.

14 MR. O'SHEA: I believe the design to the  
15 scour depths for the piers should be to scour  
16 protection. Dennis O'Shea from DelDOT.

17 MR. ZOLI: What Doug was talking about was  
18 doing a further analysis and determine if the scour  
19 depths are different than what was shown.

20 MR. ROBB: Understood. That's the basis for  
21 it.

22 The next thing I wanted to highlight, with  
23 our longer structure we don't want any pile bents for  
24 any approach spans, and I probably should just

1 emphasize that we are not looking for a, necessarily,  
2 for a three-span structure covering 2,600 feet. It  
3 can be a combination of a complex structure for your  
4 main span area, as well as the approaches to that  
5 complex structure. The approaches to the complex  
6 structure can be more of a traditional or  
7 conventional structure type, so I just want to  
8 highlight that, as well.

9 And then the design build team will be  
10 responsible for all design construction, as well as  
11 the quality control for design and construction.

12 Part two: Part two, as I indicated in the  
13 ITP, that was the ground rules for the procurement.  
14 Part two of the contract documents basically gives  
15 the ground rules for the contract execution from both  
16 the DelDOT perspective and from the design builder's  
17 end of things.

18 And within that part two there are several  
19 subsections. I am not going to get into these in  
20 depth. I think these have been out there long enough  
21 that probably everybody has had an opportunity to  
22 familiarize themselves with this at least a little  
23 bit.

24 But general notices and requirements that

1 both DelDOT and Federal Highways have are included in  
2 DB Section 101, or I'm sorry, 102. Some of the  
3 bonding requirements and our partnering process that  
4 we would like to implement on this project are  
5 explained in DB Section 103. The scope of work  
6 requirements are elaborated on in DB Section 104.  
7 The control of the work is described, control and  
8 materials. Some of the legal responsibilities.

9 MR. EUSTIS: Including insurance.

10 MR. ROBB: How payment will be handled on  
11 some price progress in payment, escrowing of proposal  
12 documents, and then some of the design management,  
13 design QA and QC.

14 Just to clarify, DelDOT will be responsible  
15 for quality assurance, so we will be performing QA  
16 for both the design and construction as appropriate.

17 Again, the QC is the design builder's  
18 responsibility.

19 Again, some of the plan requirements.

20 Part three of the contract documents include  
21 the design requirements and some of the  
22 specifications. What I have -- I understand this is  
23 hard to read, but this is in the -- This will be in  
24 your documents. The thing I just wanted to highlight

1 here, in part three is where we include our  
2 performance specifications. Your proposals need to  
3 satisfy all the requirements of all the performance  
4 specifications.

5 I think we have 14 or 15 different  
6 performance specifications related to this structure.  
7 They include esthetic requirements; bridge design  
8 requirements; bridge drainage; hydraulics; the scour  
9 we talked a little bit about; concrete requirements;  
10 engineering requirements; geotechnical requirements;  
11 inspection, maintenance and construction; mass  
12 concrete; public outreach; roadway geometrics, which  
13 really shouldn't come into play for you; temporary  
14 works; and then, again, the U of D bridge monitoring  
15 program.

16 One of the things that we have done with the  
17 U of D bridge monitoring program, since we do not  
18 know what type of system or research activity we may  
19 have ongoing, since we don't know what kind of  
20 structure you are going to propose and the details of  
21 that structure, what we have asked is that you set up  
22 an \$100,000 line item in your price proposal to cover  
23 costs associated with facilitating efforts associated  
24 with the U of D's research activities.

1           The way it will be measured is basically on a  
2 force account type basis where we will look at time  
3 and materials for payment. If we spend 100,000 and  
4 we need to go above and beyond that, we will look at  
5 a change order for any amount over 100,000.

6           We also have warranty requirements and also  
7 wind engineering requirements.

8           Part four includes special provisions for the  
9 contract. Now, part four, I think there is 40, 45  
10 different special provisions included. These are not  
11 requirements necessarily for the contract, and you  
12 will see Delaware Number 57 stone as an example. If  
13 you use stone, it needs to follow our standard  
14 special provision requirements for that type of work  
15 in Delaware, and that's why these are included.

16           If you use one of these items, we want you to  
17 do it the way we do it here in Delaware, but that  
18 does not mean you have to use these items at all.

19           MR. EUSTIS: I would take back that, because  
20 key personnel.

21           MR. ROBB: There are a few exceptions. I  
22 should tell you, unless otherwise specified, because  
23 some of these are specified that you shall do this.

24           One of them that's a little strange here is

1 right at the top of the list, the key personnel  
2 qualifications and requirements. Just maybe make a  
3 note where that's located. It's kind of a -- It  
4 wasn't a real good place to put it, so it kind of got  
5 slipped in here, but that will outline key staff and  
6 what type of experience, years experience, and so  
7 forth that are required for each of those key staff,  
8 and that will apply for everybody.

9 Do we have a trainee requirement on the  
10 contract?

11 MR. EUSTIS: Yes, we do.

12 MR. ROBB: Down towards the bottom we have  
13 our trainee special provision. That one will apply.  
14 Our CPM schedule updates and revised updates, that's  
15 going to apply, as well.

16 But, as an example, there is a drilled shaft  
17 special provision. Obviously, if you don't use  
18 drilled shafts, we are not going to make you, so that  
19 wouldn't necessarily apply.

20 We have a couple different special provisions  
21 for different types of overlay. You can pick which  
22 one you'd like, or, if you want to submit an  
23 alternate overlay for consideration, that's an  
24 option, as well.

1 Superpave: We really don't expect or  
2 anticipate that you will be doing any paving, but if  
3 for some reason you need to repair something, maybe,  
4 specs are included to show you what our requirements  
5 are.

6 I guess the other thing I just want to note  
7 is hopefully everyone is familiar enough at this  
8 stage what we are looking for.

9 As John indicated, this is a bridge project.  
10 You really shouldn't have much maintenance of  
11 traffic, maybe for hauling some materials. There  
12 shouldn't be any roadway activities. Very minimal  
13 utility efforts. Permits are in place.  
14 Right-of-ways are in place. Basically, we are just  
15 looking to have you come in and build a bridge, so it  
16 should be pretty straightforward.

17 And that's in part five is where we have our  
18 utility and right-of-way statements. I have just  
19 kind of highlighted the different utilities in the  
20 area. Dave Dukes is going to talk a little bit more  
21 about that.

22 Probably the most significant is the electric  
23 transmission, which you will see when we walk out.  
24 That is one that is going to remain in place.

1 Originally, it was going to be undergrounded. Now  
2 it's going to remain aerial through the duration of  
3 the contract and, most likely, permanently.

4 As I indicated, the right-of-way has all been  
5 acquired, it's available, and we have three different  
6 staging areas that we will highlight for you that are  
7 available for your work.

8 Part 6 includes different types of plans.  
9 And we basically have what we call directive and  
10 indicative plans. The directive plans are, as the  
11 name would suggest, plans that indicate how you are  
12 to do something with little or no variation from  
13 what's specified. And they are very limited for this  
14 contract. There is only roadway geometrics,  
15 alignment, and that type of thing.

16 Indicative plans are to give you an idea of  
17 other details that are being used on the project,  
18 things that you may be timed to, to basically help  
19 you understand site conditions, overall project, and  
20 come up with appropriate proposals to tie everything  
21 into the overall project, and they are defined in  
22 more detail in part six.

23 We have, right now, we have six different  
24 directive plans. The first includes basically plan

1 and elevation. Because of the length of the project,  
2 there is the match line here on the right side, so  
3 you are looking -- On the right side, you are looking  
4 at the centerline of the Inlet. It shows the  
5 profiling, elevation. It shows some of the under  
6 clearance requirements. It shows the alignment with  
7 relation to existing SR-1.

8 It also shows requirements for a temporary  
9 protective shield also to be installed beneath your  
10 activities to maintain pedestrian access. I think  
11 Dave is going to talk a little bit about some of the  
12 pedestrian issues that you will have to deal with  
13 through construction.

14 And this is basically a mirror image for the  
15 north side of the Inlet.

16 You have typical sections showing the lane  
17 configuration requirements. Above that clearance, as  
18 I talked about, are baseline -- The baseline is  
19 basically going to be in the centerline of the  
20 median, so the baseline bridge will be located in the  
21 centerline of median.

22 We have got profile. One of the things just  
23 to highlight here on the profile. You can see, if I  
24 point to this with the pointer, this area right in

1 here, this is where the embankment will be removed to  
2 within the bridge limits. You are looking at end of  
3 the bridge, kind of right at the end of the profile  
4 sheet. You can kind of see the profile here for  
5 along the baseline, at least, what the profile of the  
6 embankment will be by the time you get out here.

7 We can talk and maybe explain that a little  
8 bit better when we actually walk out and look at  
9 things, and I think Dave is going to talk about it,  
10 as well.

11 And here we have -- We are actually showing  
12 some of the traffic restrictions, some of the  
13 construction milestone dates and then the staging  
14 areas that will be available to you.

15 Let's see if I can maybe highlight these. On  
16 the north side of the Inlet we have got two different  
17 areas that will be available to the design builder.  
18 A real large area here. Another one here. So  
19 basically everything outside of the construction  
20 office here will be available to you once you get on  
21 site.

22 One of the areas, actually, we are going to  
23 be taking some of the embankment material and raising  
24 the grade within one of the staging areas. So, Dave,

1 are you going to explain that a little bit too?

2 (An off-the-record discussion  
3 was held regarding a poster  
4 falling off the wall.)

5 MR. ROBB: While Dave's doing that, on the  
6 south side there are three different staging areas.  
7 One, two, three. This middle one will be available  
8 for your work. This is going to be reserved for  
9 future roadway work, as well as this one right now.

10 If we have the opportunity to make those  
11 available to you, we will, but right now we can't  
12 promise that.

13 Part seven includes our environmental  
14 requirements and the permits that we have in hand.  
15 Basically, we have a Coast Guard permit, an Army  
16 Corps of Engineers permit, a DNREC subaqueous lands  
17 permit, and a DNREC wetlands permit, as well as a  
18 water quality permit.

19 All permits are still in good holding right  
20 now. If need be, DelDOT will be responsible and will  
21 continue to request extensions through the duration  
22 of the contract. That will be our responsibility.  
23 If, for any reason, your work requires a permit  
24 modification, the design builder will be responsible

1 for the modification.

2 We don't envision that happening, but just in  
3 case there are some ideas out there that we are not  
4 anticipating, just to make that clear, that would be  
5 your responsibility.

6 And, also, the FAA determination of no hazard  
7 will be the design builder's responsibility.

8 And then, ultimately, the last part of the  
9 contract documents will be the successful proposer's  
10 proposal. That will get incorporated in as part of  
11 the actual contract.

12 The other part of the scope of services or  
13 section, I guess I should say of the scope and  
14 services package are the reference documents, and you  
15 can see we have got adjacent contract information,  
16 environmental documents, as-built drawings, design  
17 charette information from the original arch bridge  
18 design. That is to help with your determination of  
19 what kind of esthetic details you want to incorporate  
20 into the design.

21 As you go through the performance  
22 specifications, you will see that there is weight  
23 added to incorporation of some of the public's  
24 preferences from the original design, and that's why

1 that information is offered.

2 We talked a little about the geotechnical.  
3 There is a lot of geotechnical data available. With  
4 the issues that we have had with the approach  
5 embankments, we have been out several times in  
6 different areas getting CPT testing, SPT testing, a  
7 lot of lab analysis. And, any information that we  
8 have, we are marking that available to you to help  
9 you understand the site conditions as thoroughly as  
10 possible.

11 The thing I would just highlight, I guess, is  
12 pay attention to when the data was collected. Things  
13 change out here with time with the amount of fill  
14 material that we have. So, again, I just want to  
15 highlight that, that you can take two borings in the  
16 same location, but if they are a year apart, they may  
17 give you very different information, and I just want  
18 to make sure you understand that when you are looking  
19 at things.

20 We talked a little bit about right-of-way.  
21 The right-of-way plans are actually furnished so you  
22 can see exactly what the right-of-way limits are.  
23 The University of Delaware's Bridge Monitoring  
24 Manual, to give you an idea of maybe some of the

1 activities that they may have going on.

2 There is a wind study that was done to assist  
3 you in determining maybe appropriate design wind  
4 speeds and so forth.

5 And then, as John mentioned, there is aerial  
6 photos that are available.

7 Before I move on to Dave, I just wanted --  
8 Let me back up a step here. I wanted Rod to take an  
9 opportunity to explain some of the roadway  
10 geometrics. And let me get you to the right place.

11 MR. HILL: That will work.

12 MR. ROBB: Here?

13 MR. HILL: Yes.

14 MR. ROBB: Okay.

15 MR. HILL: Doug has highlighted a lot of it  
16 so far, but I just want to kind of briefly give you  
17 the rundown on it. As a result of the lengthening of  
18 the structure, we really tried to look at maintaining  
19 as much of the tangent on the structure as possible.

20 We first took that approach maintaining the  
21 original bearing. However, as a result of the  
22 right-of-way that's already been acquired, we knew  
23 that meeting roadway requirements would really extend  
24 that beyond those limits, the limits of construction

1 and such, so actually the bearing that's in the  
2 documents on the disc, it's actually rotated  
3 counterclockwise slightly, so once you look at those  
4 details you will see that it's got a slight rotation  
5 to it.

6 We have been able to maintain a constant  
7 bearing across the structure on the south approach.  
8 On the north approach, on the north end of the  
9 structure, we have got about 100 feet of curvature on  
10 the horizontal alignment on the structure there.

11 Just a few things to note is, as Doug  
12 mentioned, on the typical sections it's more evident  
13 than on here, but on the southern approach, as a  
14 result of moving things to the south, the  
15 acceleration lane --

16 MR. ROBB: Do you want me to pull up that  
17 typical?

18 MR. HILL: That's fine, yeah. It's kind of  
19 broken down in three typical sections. There is  
20 about 84 feet of the acceleration lane on the  
21 structure, starting 1286 to about -- or 1287 to  
22 1287.84. From that point there is a full width  
23 transition from the acceleration lane to over a  
24 300-foot distance down to zero. However, at that

1 point there is a shoulder transition from the 7 feet  
2 to a 10-foot wide shoulder across the structure.

3 So the typical sections lay that out. The  
4 general typical section for the balance of the  
5 structure is also shown along with the above-deck  
6 clearances. If you can go back one real quick.

7 And then on the north end here, like I said,  
8 there is about 100-foot of curvature along the  
9 structure that ties it around 1313.

10 The other thing to note is the previous  
11 design had pedestrian access connection points, kind  
12 of more of a shortcut feature along the what was to  
13 be embankment here, as well as on the south end, and  
14 at this point in each case we are showing the  
15 pedestrian access here and then also on the previous  
16 sheet to be designed under a different contract with  
17 anticipation of the tying into the end of the  
18 structure.

19 And then, as far as the profile is concerned,  
20 we have been able to maintain keeping the vertical  
21 profile from the previous design.

22 MR. ROBB: The other thing I wanted to point  
23 out, this also shows where our anticipated embankment  
24 removal limit would be. And see that it's basically

1 got three lines here. The bottom line was original  
2 ground. The second line is our anticipated finished  
3 grade after we remove the embankment. The top is  
4 where we are right now or close to where we are right  
5 now, where finished grade would have been.

6 So you can see the vast majority is going to  
7 be removed. What's being left in place will need to  
8 be worked around. Our intention is that this is  
9 almost acting as almost like an interim stockpile  
10 area. This material over time may get hauled out for  
11 different DelDOT projects. We are taking out what we  
12 feel we need to take out to stop all the movement.

13 With that being said, we are not taking out  
14 all the material that was placed, but over time we  
15 still may access under the bridge to remove further  
16 material over time, so just to explain that a little  
17 better.

18 I guess, with that, Dave -- Oh, let me have  
19 one more thing real quick.

20 At the bridge abutments, Whitman Requardt  
21 right now is still going through collecting  
22 additional subsurface information. We have the  
23 subsurface information. It's been offered in the  
24 reference documents. Some of the lab analysis of the

1 soil borings is still coming in, and they will be  
2 developing an appropriate design fix for us for the  
3 embankment that is remaining.

4 Right now, sitting here today -- Yes?

5 MR. HOMSI: Elie Homsy. The 11-foot minimum  
6 piers that you mentioned, it is which side?

7 MR. ROBB: If you see, it's basically coming  
8 back very close to the original grade. It would be  
9 down in this area here is where the low chord would  
10 need to be at about elevation 11, and I think the  
11 profile there is right around elevation 20, so you  
12 have eight or nine feet to work with the  
13 superstructure.

14 As I was saying, right now we are in the  
15 process of determining what we are going to do with  
16 the embankment that will remain in place permanently.  
17 We are still having more settlement than we would  
18 like. How we are going to mitigate that, sitting  
19 here today, is not known.

20 We anticipate a couple different things that  
21 may happen. We hope within the next few weeks, by  
22 the end of March, to be able to get a better  
23 indication as to what we are going to do with the  
24 remaining embankment and how that will affect your

1 bridge abutment.

2           Sitting here today, you should probably  
3 anticipate and expect that your bridge abutment will  
4 need to resist normal weight fill materials and the  
5 lateral earth pressure associated with those fill  
6 materials. We will give more direction on how that  
7 will be coordinated or whether it's part of this  
8 contract or part of the separate contract.

9           Right now, until we know the answer of what  
10 we are going to do there, we will decide the best way  
11 to deal with that, but we should have an answer on  
12 that within the next month. Hopefully, it doesn't  
13 interfere with your design.

14           So, with that, I will turn it over to Dave.

15           MR. DUKE: Good morning. I am David Duke.  
16 And, as Doug said, I was the project resident of the  
17 approach embankment contract that we had going on.

18           It was bid and awarded in the spring of '05.  
19 Kuhn Construction had the contract. The contract was  
20 terminated this month of '08. And the biggest reason  
21 that it was terminated was a mutual agreement between  
22 both parties that it was in the best interests for  
23 both of us.

24           We had a lot of settlement geotechnical

1 problems, and so we terminated the contract and we  
2 had to regroup with what we were going to do with the  
3 design build, and that's where we are today.

4 So we have an embankment contract out. The  
5 notice to proceed will be given in April of '08. We  
6 got about 100 days to do the job. It should complete  
7 by July of '08.

8 We got 140,000 yards of soil to move, about  
9 70,000 to haul offsite and 70,000 to embank on site.

10 In the area that you guys will be laying down  
11 your yard, that's where the 70,000 yards of material  
12 will be embanked.

13 The structure that you see today, as Doug  
14 noted, will be gone when you come back.

15 You will hear me talk about the pressure  
16 relief wall. This is the north approach. This is  
17 wall seven. Basically, we are going to remove the  
18 wall down to the original grade and then slope it  
19 back at a three-to-one slope here and a three-to-one  
20 slope in this direction.

21 It will be, at this location here, 50 feet  
22 back. It will be at elevation 21, and we will go  
23 back to original grade at the abutment zone and be  
24 flat for about 100 feet, and I will show you that in

1 the profile.

2 This is a plan view of the south side, a plan  
3 view of the north side. The shaded area is the area  
4 that will be influenced by the embankment contract,  
5 so this shaded zone will be the area that we actually  
6 remove the soil.

7 In a profile view, the best way to look at it  
8 is standing at the south end of the project. This is  
9 the south embankment. Our proposed abutment location  
10 is in this zone right here. As I said, there is  
11 about 100-foot that will be flat at about elevation  
12 four.

13 The slope to the south will be at two-to-one  
14 up to elevation, I think it's like 17 or something  
15 like that, plus or minus. And this area here will be  
16 of some concern to you, that we have to figure out  
17 how we are going to backfill that, and we should be  
18 getting word to you sometime in the near future with  
19 the Whitman Requardt investigation that they are  
20 doing now with the soil analysis.

21 But, from the flat zone going to the north,  
22 you are going to go up a 4 percent slope, and that  
23 will go all the way to the end of our pressure relief  
24 wall, within 50 feet of it, to an elevation of 21-22,

1 depending on which side you are on, and then it will  
2 go down to a three-to-one slope to meet elevation 67.

3 This is a cross section view look to give you  
4 a view of what it's going to look like from your left  
5 to your right. This is on the south side of the  
6 Inlet.

7 The existing Road B, Road 50A is here. We  
8 will have a small drainage ditch located on the west  
9 side of the alignment. And then we will do a partial  
10 removal of the embankment. The shaded area is the  
11 area of the removal zone.

12 And one thing that I am going to show you  
13 later in the picture, I will show you some  
14 construction pictures, but in this zone here, this is  
15 the MSE wall strap zone, and you can see that with  
16 the partial removal there still will be some remnants  
17 of that strap zone left in place that you are going  
18 to have to deal with if your structure falls within  
19 that zone.

20 So, if you are going to have a foundation  
21 that falls within these zones here, you may have to  
22 deal with the remnants of that leftover uni-axial geo  
23 straps.

24 Just another typical section. You can see

1 the slope that will be out here, looking left to the  
2 right. So, obviously, when you go to do your  
3 foundation work, this hill is going to have to be  
4 moved around and flattened out for access to your  
5 pile driving or your caisson, whichever type of  
6 foundation that you choose to install.

7 And this is just a section a little farther  
8 to the north to give you an idea of exactly what you  
9 are going to be looking at when you come out here.

10 And it's a repeat scenario on the north side.  
11 So what you see on one side, you will see on the  
12 other, with the exception on the north side there is  
13 a more of a geo-slope reinforced earth wall that you  
14 have the possibility of having to deal with, and I  
15 will show you some construction pictures of those,  
16 that this geo-slope material extends back in the fill  
17 about 20 feet.

18 These straps go from 20 like to 34 feet,  
19 depending on the location of where you are and the  
20 height of the design of the wall.

21 To give you an idea of all the utilities that  
22 are out here, Doug went through them. You shouldn't  
23 have any conflict with any of them, but there are  
24 water from Sussex Shore, Sussex County Sanitary

1 Sewer, Verizon Communication, Media Com  
2 Communication. Media Com is only on the south side  
3 of the Inlet. And then we have the DP&L Electric  
4 transmission distribution.

5 The distribution is now on existing bridge.  
6 That distribution will be removed from that bridge  
7 and hung on the transmission towers that carry the  
8 transmission line over the Inlet.

9 That will happen, most likely, during the  
10 duration of your contract. We need to get it off the  
11 old bridge, get it on the existing structures, so  
12 that we can demo the old structure, but we don't know  
13 the schedule of that right now, but take a look at  
14 the transmission towers that are out here on the west  
15 side of the alignment, because they will stay, and  
16 you just have to work around those transmission  
17 lines.

18 This is an overview of the park. It's like  
19 the sign that fell down there. But these, in the  
20 Inlet we have -- Underneath the Inlet we are crossing  
21 with the sewer, the water, and Verizon. They  
22 shouldn't be a problem in your way there.

23 The transmission line is located right here.  
24 Distribution runs up underground, and it runs

1 parallel to the MSE walls that we have out there  
2 today and cross over and hook up into the bridge in  
3 this area. They should not be a problem in the  
4 footprint of your bridge. Your bridge will be  
5 located to the north of that crossing of the  
6 distribution right in this area.

7 And, also, we have the sewer and electric  
8 that feeds the park facilities here, and those also  
9 should be far enough located to the north that they  
10 don't interfere with your structure.

11 I think I have covered the utilities. Media  
12 Com, it's located only on Road 50A, and it runs back  
13 to the park here into the South Shore Marina  
14 residence.

15 So lessons learned: We have a sheet pile  
16 system out here that supports the existing roadway  
17 approaches. This sheet pile system was a multi-task  
18 purpose wall. It was a supported embankment, plus  
19 acted as a coffer dam for the original archway  
20 bridge.

21 Sheets range from 90-foot down to 24-foot in  
22 length. We had some real tough difficulty in driving  
23 these sheets, especially the 90-footers.

24 A vibratory hammer, Ice 416. It was the

1 biggest hammer we could get. And we, like I said, we  
2 had a lot of trouble.

3 One of the things that we did, we put driving  
4 tips on it. We closed off the interlock to stop soil  
5 from filling in and the sand turning to glass in that  
6 area. We melted a lot of sheets. And we jettted. We  
7 had jets. We did everything that you could think of  
8 to try and get these sheets in the ground, and we  
9 definitely struggled.

10 And you look at this next picture, and you  
11 can see it was like a war, and those sheet piles won.  
12 Personal opinion.

13 There is stratum one, stratum two. Stratum  
14 one is 30-foot of sand. Stratum two is a variable  
15 thickness layer of soft clay. We have a real dense  
16 layer of sand just above the clay, and that dense  
17 layer, with no support from the clay, when you try to  
18 punch through that sand, it just sits there and  
19 bounces, and that was the biggest problem that we  
20 found, and I just want to make you aware that we did  
21 have some trouble driving those piles.

22 The wall is tied back, and there are  
23 portions. I've got as-builts showing. The tiebacks  
24 and the length and depth of the sheets, maybe for

1 your coffer dams, if you think you could use that  
2 sheet pile wall for that.

3 This is the north view, and you can see the  
4 deep sheets here, and this was in the area of the  
5 archway pile line.

6 South side. There is two areas that are  
7 deep. This one was for the abutment, which is now  
8 out of the picture, but you may be able to use these.

9 Instrumentation: We do have a lot of  
10 instrumentation out here monitoring our, for our  
11 geotechnical program. There will be some existing  
12 instruments that we are getting ready to install now  
13 that will be in the approaches that you will have to  
14 work around.

15 There will be, south side, two sediment  
16 plates, three inclinometers, and piezometers.  
17 Piezometers shouldn't be a problem, because they are  
18 down out of the way, but the plates and the  
19 inclinometers, you will have to work around.

20 To give you a little idea of what the wall  
21 was made up of, to show you what you are going to  
22 have to work around with your foundations, the  
23 geotextile uni-axial, bi-axial. The bi-axial is a  
24 four-foot wrap that holds the aggregate in place.

1 The uni-axial strap gives the structure its strength,  
2 and these straps go from 20 to 34-foot in length, and  
3 that's something that we are going to have to work  
4 around.

5 I wanted to show you this picture here.  
6 Obviously, we have water on both sides of the  
7 project, and you excavate down about four feet and  
8 you are going to find it, so I just wanted to bring  
9 that to your attention, that we do have water on  
10 site.

11 And this gives you an idea of what's going to  
12 be left in place. We are going to remove this  
13 structure about to the elevation of this road, so  
14 everything that was below the road that we put in  
15 will still be in place, and above, so that was one  
16 reason I wanted to show you this too.

17 And then the next few pictures I am going to  
18 show you are things that will be in place. You can  
19 see here the straps were about -- I think these are  
20 14-foot in length, and some of these are up in the  
21 34-foot, but you will see a three-quarter-inch clean  
22 aggregate. This clean aggregate goes from elevation  
23 zero up to elevation 12.

24 Above elevation 12 you will have a washed

1 sand that replaces the three-quarter-inch aggregate  
2 for the strap zone.

3 And this material here is what I am talking  
4 about that if your foundations fall within that MSE  
5 wall strap zone, you are going to have to deal with  
6 this material that's in there for your foundation.

7 Just another picture of showing that every  
8 18 inches you can expect to see a layer of this  
9 uni-axial geotextile. Well, it's not a geotextile.  
10 It's more of a plastic type material.

11 This is the geotextile wall that's located  
12 both on the north and south side. On the south side,  
13 the slope won't be -- Your abutment falls to the  
14 north of the geo-slope reinforced earth wall, but on  
15 the north side, there is a portion of this that could  
16 be in your foundation zone. This material runs about  
17 20 feet back into the embankment and they are in  
18 18-inch lifts.

19 What you see here is the fabric is laid out  
20 towards the barrier. You have an 18-inch lift of  
21 common borrow, and then we fold the fabric back over  
22 top and place another lift of soil on and repeat the  
23 process.

24 And I just wanted to bring that to your

1 attention too, that some of that will be left in  
2 place out here.

3 One of the things that Doug mentioned, that  
4 this is a park and there are a lot of people that  
5 visit this site. And starting in May and it runs  
6 through September, it's a big resort area, and  
7 there is a lot of fishermen that we are going to have  
8 to deal with. They fish this inlet. I mean people  
9 fish 24/7 when the fish are running in here.

10 And underneath the bridge structure we are  
11 going to have to provide some type of protection for  
12 those folks. And I guarantee they will be underneath  
13 your bridge fishing when you are building it.

14 And a lot of boats. There is a huge amount  
15 of boats. There is deep scour holes, and the fish  
16 like to live right on the edge of those scour holes,  
17 and it's going to be right underneath the new  
18 alignment of the bridge, so you are going to have to  
19 think of the fishermen and the boats when you are  
20 building this bridge.

21 And you can see why. There is some  
22 nice-looking fish out there. But that's a key thing  
23 that you have got to pay attention to out here. It  
24 is a park, and we are going to have people walking

1 through your job.

2 We have got fence around everything, but you  
3 know how people are. We are on them every day trying  
4 to keep them out of areas they don't belong. But  
5 that's something that I want you to keep in mind.

6 And we are still looking for that type of  
7 bridge. I don't know what it's going to look like,  
8 but hopefully in the next couple of months here we  
9 will have an idea, and I look forward to working with  
10 you all.

11 So is there any questions? Did I make it  
12 clear on what's going to be here for you? Hopefully,  
13 that was my goal. Yes, sir?

14 MR. RAMSEY: I had a couple questions.

15 MR. EUSTIS: Name and who you represent.

16 MR. RAMSEY: Okay, Mike Ramsey with Kiewit.  
17 You talked about the distribution line that's going  
18 on the existing power transmission.

19 MR. DUKE: Yes, sir.

20 MR. RAMSEY: What elevation is that going to  
21 be at, or is that information in the drawings?

22 MR. ROBB: We don't know that yet.

23 MR. DUKE: We don't know that yet.

24 MR. ROBB: Yeah, the distribution line, I

1       guess what we do know is that when they swap out or  
2       when they come to put the distribution line on the  
3       existing towers, they are going to swap out the  
4       existing towers that are adjacent to the Inlet with  
5       some other type of pole. So there will be some  
6       activity going on in there, but it is not designed  
7       yet.

8               The Department has just recently made a  
9       decision to go aerial with the distribution line. It  
10      was originally going to go under the Inlet, so that  
11      design limit is not completed, but that is something  
12      that we will work with the power company and the  
13      successful team here to coordinate schedule wise and  
14      what that means for access to either side of that  
15      line. And, hopefully, we will get that worked out  
16      and scheduled appropriately.

17             MR. DUKE: Do I hear a concern with the  
18      height of it?

19             MR. RAMSEY: Absolutely. I mean that's going  
20      to significantly restrict what you can do in that  
21      yard space. It goes right through the middle of your  
22      yard space.

23             MR. DUKE: Yeah, I hear you. So it may be  
24      best to try and schedule that later in the game after

1 the majority of --

2 MR. ROBB: Our thought was, early on, if  
3 there is an opportunity to get that work done after  
4 you have gotten the majority of your activities  
5 complete where you have the bridge available to  
6 traffic, that that window of opportunity from that  
7 point until we actually start the bridge demo, that  
8 we may have an opportunity to get that distribution  
9 line located then.

10 But, again, we don't know how long it's going  
11 to take. The decision was just made to go that  
12 route, and we will have to work with the power  
13 company to do it.

14 MR. RAMSEY: So you are going to -- There is  
15 going to be more information available on that --

16 MR. ROBB: Hopefully.

17 MR. RAMSEY: -- as the process moves forward?  
18 All these drawings you showed us up here of the  
19 removal of contract that's coming out, is that  
20 information available to us? Can you make that  
21 available, John?

22 MR. EUSTIS: It is.

23 MR. ROBB: It's in the record.

24 MR. EUSTIS: It's in the CD.

1 MR. RAMSEY: Okay.

2 MR. ROBB: All the figures that Dave was  
3 showing of the embankment removal are from the  
4 embankment removal contract, and that is one of the  
5 reference documents that's on your CD, so you have  
6 all that information.

7 MR. RAMSEY: Another question I had was why  
8 are you leaving that at a 4 percent grade underneath  
9 the bridge? That's going to make it, you know, it's  
10 going to make it more difficult for the main bridge  
11 builder to access it with cranes or man lifts or  
12 whatever we need to get in there.

13 MR. ROBB: The reason is we didn't have  
14 places to take the material. We have had to minimize  
15 the amount of material that we are talking out right  
16 now because we don't have enough places to take it  
17 economically.

18 So we are taking out what we need to take  
19 out. The final grading, yeah, we understand it's  
20 going to -- It's something that needs to be worked  
21 around. That's why I wanted to try to make that as  
22 clear as possible what that's going to look like for  
23 you. It's basically going to mirror the grade that  
24 you have out there for the approach embankment right

1 now. That's at a four percent grade, so basically  
2 just pulling that down.

3 MR. RAMSEY: Okay. My last question was when  
4 you take that 70,000 yards of material and put it  
5 over here and plate this yard, right now this yard is  
6 in pretty good shape, but is it going to be common  
7 material that's left there, or is it going to be  
8 stone that's on top?

9 MR. DUKE: We are going to put stone on top  
10 of the common borrow, yeah. Right now we are looking  
11 at two inches, but we will see how it acts.

12 MR. ROBB: Under the title of grading, for  
13 instance, three to four feet, we are looking at.

14 MR. DUKE: Three to four feet. It's not bad  
15 soil.

16 MR. RAMSEY: Okay.

17 MR. DUKE: It's a good borrow.

18 MR. RAMSEY: That's all I had.

19 MR. DUKE: Any other?

20 MR. NOVYNKA: Robert Novynka of Flat Iron. I  
21 had a question about your access to your public. Can  
22 you shut -- Can you build a gate, fences along your  
23 right-of-way and stop anybody from passing through  
24 your site? And, if they do pass through your site,

1       whose insurance do those people fall under if they  
2       are hurt?

3               MR. DUKE: I do know that the sidewalk area  
4       that runs parallel to the Inlet, that will need to be  
5       kept open. There is a 20-foot emergency corridor  
6       that we need to leave open in that area for emergency  
7       access to the beaches in case someone would get hurt.

8               But there is surfers, there is fishermen that  
9       get, that go from like this north day parking lot,  
10      which is right outside the office here, to get to the  
11      north beach. They have to walk along and parallel to  
12      the Inlet and will be underneath the structure.

13              MR. NOVYNKA: So how do we control our safety  
14      requirements from our safety offices that say any  
15      part of the job site, that the contractor is  
16      responsible for that safety? And, if you have people  
17      coming here and there whenever they want, you can't  
18      control that. And how do you justify the money that  
19      you could end up losing if these people trip or fall  
20      on the sidewalk, with nothing to do with you? They  
21      are not going to come after you. They are going to  
22      come after the contractor.

23              So you have got to -- The rules are that if  
24      you have the right-of-way, from right-of-way to

1 right-of-way, that contractor is responsible for all  
2 the safety in that site. So if you are allowing  
3 pedestrians or whatever to walk through your site,  
4 you are putting them at risk and you are going to  
5 nail the contractor for anything that they have  
6 happen to them. Correct? So how do you do that?

7 MR. ROBB: John, do you want to address that?

8 MR. EUSTIS: I think that's a question you  
9 are going to have to have submitted, and we are going  
10 to have to take that up with the risk manager.

11 MR. NOVYNKA: Because it's a huge risk?

12 MR. EUSTIS: Yeah, I understand that.

13 MR. DUKE: In this contract, Doug, and I  
14 apologize for not knowing it, do you have the  
15 pedestrian walkway requirement?

16 MR. ROBB: Yes, one of the requirements is  
17 that you provide a protective shield over that  
18 walkway area through the area that you have any  
19 construction activities overhead.

20 MR. NOVYNKA: Yeah, I can understand that.

21 MR. ROBB: I understand where you are coming  
22 from. I understand the question you are asking and  
23 the liability. I can't answer that. I don't know.  
24 I will have to get an answer for you.

1           MR. DUKE: Yeah, I just wanted to bring it to  
2 your attention. There are a lot of folks out here.  
3 We do have the site fenced off so that they can't  
4 wander into the job site, but they are going to walk  
5 underneath of the structure area.

6           MR. NOVYNKA: But, obviously, we have done  
7 stuff with that in the past where the fishermen will  
8 probably line that whole roadway there and just fish  
9 right off the banks there. Right? They just --  
10 There's a million fishermen.

11          MR. O'SHEA: We talked about putting a fence  
12 down along the area of the jetty, but I am not sure  
13 if they can still get around there, but to block it  
14 off.

15           I think the main area was on the walkway we  
16 want to be able to provide access. We don't want to  
17 have a whole lot of open area that they can wander,  
18 but just in the defined area where the walkway is  
19 currently.

20          MR. DUKE: But you are right. They walk down  
21 on -- They fish right off the blocks.

22          MR. NOVYNKA: Yeah, well, that's what I mean.  
23 If you are going to have heavy equipment moving  
24 around there, and I know what it's like to try to

1 chase fishermen off of something, but it just doesn't  
2 happen. So you are putting the contractor at a great  
3 disadvantage that he is not only going to have to  
4 police his own safety people, but he has also got to  
5 police the safety for the public there, and that's  
6 quite a risk.

7 MR. DUKE: I understand.

8 MR. NOVYNKA: Okay.

9 MR. DUKE: John, are you going to have  
10 somebody address that, then?

11 MR. EUSTIS: Yes.

12 MR. NOVYNKA: Okay, thank you.

13 MR. DUKE: Anything else?

14 MR. ROBB: One other thing I wanted to  
15 highlight, the reference documents, when you are  
16 looking at where we stand in the current roadway  
17 contract, to avoid any confusion, we are in phase or  
18 stage, was it --

19 MR. DUKE: 2E.

20 MR. ROBB: 2E, so when you are going through  
21 your reference documents and looking at the roadway  
22 contract that has been ongoing, just so you know what  
23 point in time we are with that contract, it's stage  
24 2E.

1 MR. DUKE: 2E.

2 MR. NOVYNKA: I have one more question.

3 MR. DUKE: Yes, sir?

4 MR. NOVYNKA: On the fill material  
5 that you are leaving underneath the bridges, are you  
6 saying that at anytime you could be bringing  
7 transport in there to remove the material during the  
8 course of the construction process?

9 MR. ROBB: Right now we don't anticipate  
10 that. We won't interfere with the design builder's  
11 operation. If there is an opportunity where we can  
12 do it without interfering, we may, but we are not  
13 going to get in your way.

14 MR. NOVYNKA: Okay.

15 MR. EUSTIS: Any other questions before we go  
16 outside? Now, like I said, we are going to do it.  
17 We are going to have a little time to look at the  
18 site. Questions that you think of at the time, save  
19 for when we get back in here, because if we have them  
20 on the record we can address them appropriately.

21 (Recessed to go out on site at  
22 11:52 a.m.)

23 MR. EUSTIS: Are we all set? I want to  
24 clarify something about questions and comments and

1 that kind of stuff. I will do it in my own  
2 vernacular.

3 I divide questions into two types of  
4 questions. The first are nose-leading questions  
5 where you say, "I can't find this anywhere," and I  
6 grab you by the nose and I point you to it.  
7 Everybody gets those answers.

8 The others are questions that you need, you  
9 may want to have kept confidential, and that's what  
10 we are -- That's my intention. If you have a  
11 question that is specific about your design that  
12 would not require a change to the RFP or the  
13 requirements that we have, you identify it as such.  
14 If I disagree with you, I'll talk to you about it.

15 The other type, the third type of the two  
16 questions, two types of questions, is questions that  
17 are material in nature that will affect everyone, and  
18 those will result in changes to the RFP, or at least  
19 a distribution of the question and the answer so that  
20 everybody is playing on the same level.

21 Is that confusing? Like I said earlier, I  
22 get to know who asks the questions, and that's it.  
23 Now, if something happens to me, you know, you are  
24 all screwed, but I don't whether you'd admit that.

1 But I mean I have been doing this for 35 years or so,  
2 and it works out well, and I have a pretty good,  
3 pretty fair judgment of what needs to be kept  
4 confidential and what doesn't, but if you have  
5 something that you want to identify as confidential,  
6 fine, do that. I would appreciate it if you did.

7 If it turns out that it may result in some  
8 sort of change, I will talk to you about it first. I  
9 won't just, you know, broadcast your question and let  
10 it go at that.

11 And if it does require some sort of change  
12 and I have a rationalization for that, we will  
13 discuss it first. And, if you disagree, then we will  
14 decide what to do.

15 I mean if it really becomes an argument, we  
16 will probably keep things confidential, but there may  
17 be some -- There may -- Mostly, I have never run  
18 across that, actually, where anybody said, "No, you  
19 can't let any of this go." And, you know, like I  
20 said, I will be as reasonable as I can.

21 Now, I will repeat what the golden rule is,  
22 and that is we got the gold and we make the rules.  
23 So if it, you know, if it's a strong situation where  
24 it really, really is something everybody needs to

1 know, we are going to have to make that call. I  
2 can't see that happening, any kind of a disagreement  
3 about that, because then you are going to be asking  
4 about something that's technical and that requires  
5 clarification.

6 So any questions come to mind while you were  
7 out there that you would like to have us address?

8 MR. BUTLER: John, I have got one for Doug.  
9 Ken Butler with DMJM Harris. On the south side you  
10 have got a road that parallels the existing  
11 embankment on the east, and it wraps around  
12 underneath and provides access to the camp  
13 facilities, or used to, and then the neighborhood  
14 back there.

15 The relocation of that road from the existing  
16 or what was the arch bridge, is that road, the  
17 proposed location going to remain, or do you know  
18 where the road is going to be?

19 MR. ROBB: As it stands right now, that's the  
20 proposed location of the road. It is something we  
21 are going to be revisiting, but we have not yet. I  
22 guess I would say this: If it poses a problem with  
23 your bridge layout, let us know.

24 MR. BUTLER: Okay.

1           MR. ROBB: We do have flexibility in where  
2 that road can go now. Before we didn't have as much  
3 flexibility, but now we do.

4           MR. BUTLER: What about horizontal and  
5 vertical clearances to that road, is that defined?

6           MR. ROBB: That's defined on the directive  
7 plans, yes.

8           MR. BUTLER: The second question I have for  
9 you. If you issue addendums, are you going to  
10 highlight now the changes since it's been final so  
11 that --

12           MR. EUSTIS: Yes. The way I have handled  
13 them in the past is all communications, virtually,  
14 are going to be by e-mail, and if I make a change to  
15 something in the RFP or plan or something like that,  
16 it will be a PDF that I will be sending to you.

17           There will be a comment on there saying,  
18 pointing to a specific location saying this changed.  
19 I may have enough information myself to be able to  
20 tell you in general what changed about it. Or, if  
21 things are deleted, I will note that. Generally, if  
22 there are deletions, they will be stricken through.

23           I tried to do additions in red before. Adobe  
24 is kind of finicky about that, so I wound up putting

1 in comments.

2 When you get to the end of this process, we  
3 had nine addendums the last time, you will have  
4 something that when you bring it up, it will say this  
5 changed in addendum one, this changed in addendum  
6 two, this changed in addendum three, addendum four,  
7 whatever. There should be a pretty clear trail. I  
8 try to make it as easy as possible.

9 MR. BUTLER: Okay.

10 MR. EUSTIS: Now, you are getting the benefit  
11 of my experience, because the last time I put it out  
12 in two sections, one through six, and seven and  
13 eight.

14 Eight is a page, just a cover, doesn't mean a  
15 thing. And it was all one huge document. So you had  
16 833 pages in one, and then you had like a couple  
17 hundred pages in the other. So this time it's all  
18 broken down by the parts.

19 I can't see us changing the ITP, but if it  
20 does change, it will only be changed between now  
21 until we get the, before we get the technical, final  
22 technical proposals in, if there is any need to do  
23 that for any clarifications.

24 I am assuming you all have looked at this

1 thing pretty closely and that, you know, you are  
2 three weeks away from being completed with your  
3 concept design.

4 So any questions that you have, like I said,  
5 get them in to me as quickly as possible, because  
6 it's going to be to everybody's benefit if everybody  
7 is working off the same sheet of material.

8 The other thing that I did differently this  
9 time was you got all the forms that you need in Word,  
10 not just PDFs.

11 The plan sheets for the adjacent contracts,  
12 the embankment removal is in PDFs. The original  
13 bridge design, what I like to call the McDonald's  
14 bridge, and the approaches are in CAL files. They  
15 are a pain in the ass. I understand that. I put a  
16 reader on there so that you could bring them up in  
17 Internet Explorer. I'm looking into getting them  
18 converted to PDFs. And, if I can do that, I will do  
19 that and I will reissue them.

20 The other thing that I can do is I can give  
21 you, and I intend to do this at some point, DGNs of  
22 the plan. The problem with the DGNs, you use them at  
23 your own risk. We can't guarantee that your pen  
24 tables are going to be correct, your line weights are

1 going to be correct, and you are going to be on the  
2 right level for what you are looking for, so I will  
3 give it to you to make your life a little bit easier,  
4 but I am not so sure it will.

5 But, if I can give you something that you can  
6 put together and have several sheets at a time, like  
7 in a PDF, that would be a great thing if I could get  
8 that done.

9 Any other questions?

10 MR. ROBB: A couple things I wanted to point  
11 out. One thing I mentioned earlier was the question  
12 was raised outside, "Can you move dirt around to  
13 facilitate some of your construction activities?"  
14 The question was asked about the difficulty in  
15 getting cranes up the slope and so forth.

16 The material that we are going to be leaving  
17 in place, yes, you can move it. However, I would  
18 caution you that as you move dirt, something is going  
19 to start moving.

20 Every time we have any kind of additional  
21 fill placement, we get additional settlement.  
22 Anytime -- We expect when we remove material that we  
23 are going to get some ground swell. So any kind of  
24 movement that you anticipate to facilitate your

1 construction activities, you want to make sure that  
2 you have your geotechnical engineer consider very  
3 carefully what the implications are, but that  
4 footprint is yours and you can do what you need to do  
5 with it.

6 The second thing related to that is I  
7 mentioned before that eventually that additional  
8 material may be permanently removed. That will  
9 affect your foundation designs, depth of foundation,  
10 assuming the original ground would be restored.

11 So we will make sure -- I don't know that  
12 that's clearly addressed in the RFP right now, but if  
13 it's not, we will make sure that it is.

14 I think that was it. The only other thing I  
15 would mention, John and I are both dedicated full  
16 time to this project right now. If you have  
17 questions, get them in.

18 I think last time, hopefully, we demonstrated  
19 that we get quick responses out. Don't sit on them.  
20 We want to help you. Your questions help us get this  
21 thing fine tuned and avoid any confusion for all of  
22 us later, so don't hesitate to ask.

23 We will do our best to get responses as  
24 quickly as possible and have a real good document by

1 the time we actually award the contract.

2 MR. EUSTIS: Now, for those of you that have  
3 asked questions prior to this point, we have been a  
4 little busy getting all this stuff together, so I  
5 haven't had a chance to respond to too many  
6 questions.

7 We will probably get those done in the next  
8 week or so, at least those responses that people have  
9 sent in questions.

10 Like Doug said, Maryland has about five  
11 people per design build. We have two, you know. And  
12 I may not look like a secretary, but I am. I have  
13 done a lot of typing.

14 And I will give you a challenge. I have one  
15 sentence in here that's got three spelling errors in  
16 it. I challenge you to find it.

17 One other thing I want to do before we leave,  
18 I know it's a little after 12 and that everybody is  
19 starving to death. If you are not, then there is  
20 something wrong with you, because I am starving to  
21 death. This is an important project to the  
22 Department, and, to that end, to demonstrate that,  
23 Bob Taylor, Chief Engineer for the Department, is  
24 sitting over here and wants to make sure that we get

1 this thing off on the right foot.

2 So, since I am actually part time, I have to  
3 work twice as hard as any other State employee,  
4 because I can get fired at a moment's notice. So I  
5 will do, definitely give you my best, and I do that  
6 all the time, regardless. It has nothing to do with  
7 anything.

8 The reason I retired is the last time around  
9 you guys tried to kill me. This is much, much  
10 better. I don't have three full-time jobs to do and  
11 15 people to look after. I have Doug to look after,  
12 which is tough enough.

13 MR. ROBB: I thought it was the other way  
14 around, but --

15 (Laughter)

16 MR. ROBB: Thank you, everybody.

17 MR. EUSTIS: I have the plans up here with a  
18 little bit more detail than what you have. If you  
19 want to look at something in particular, let me know.  
20 We can scroll to it.

21 (Concluded at 12:04 p.m.)

22

23

24

## CERTIFICATE

1  
2 I, Lorena J. Hartnett, a Notary Public  
3 and Registered Professional Reporter, do hereby  
4 certify that the foregoing is an accurate and  
5 complete transcription of the proceeding held at  
6 the time and place stated herein, and that the said  
7 proceeding was recorded by me and then reduced to  
8 typewriting under my direction, and constitutes a  
9 true record of the testimony given by said  
10 witnesses.

11 I further certify that I am not a relative,  
12 employee, or attorney of any of the parties or a  
13 relative or employee of either counsel, and that I  
14 am in no way interested directly or indirectly in  
15 this action.

16 IN WITNESS WHEREOF, I have hereunto set my  
17 hand and affixed my seal of office on this 29th day  
18 of February 2008.

19  
20  
21 \_\_\_\_\_  
22 Lorena J. Hartnett, R.P.R.

23 Reporter Certificate #134-RPR, Exp. 01-31-2010  
24

**ERRATA - CORRECTIONS TO THE TRANSCRIPT OF THE PRE-PROPOSAL  
MEETING FOR CONTRACT 26-073-03 READVERTISED,  
DESIGN-BUILD REPLACEMENT OF  
BRIDGE 3-156 ON SR1 OVER INDIAN RIVER INLET  
FEBRUARY 27, 2008, 10:00 A.M.**

Page 4, line 17, replace “the prior” with "some prior"

Page 23, Line 8, replace “subbed” with “stubbed”

Page 26, Line 17, replace “ZOLI” with “O’SHEA”

Page 26, Line 20, insert “MR. ROBB:” after the word “Understood”

Page 26, Line 20, replace “MR. ROBB:” with “MR. ZOLI:”

Page 33, Line 18, replace “timed” with “tying”

Page 38, Line 8, replace “marking” with “making”

Page 40, Line 22, replace “1287.84” with “1287+84”

Page 47, line 2, replace the number 67 with 6 or 7

Page 50, line 24, replace “Ice” with "ICE"

Page 52, Line 15, replace “sediment” with “settlement”

Page 60, Line 12, replace “title” with “total”

Page 60, Line 12, replace “Under” with “On”

Page 63, Line 21, replace “blocks” with “rocks”

**THE FOLLOWING ARE CLARIFICATIONS, NOT CORRECTIONS:**

Page 64, line 19, replace 2E with stage 2 phase E

Page 64, line 24, replace 2E stage 2 phase E

Page 65, line 1, replace 2E with stage 2 phase E